

RADIO TECHNICAL COMMISSION
FOR MARITIME SERVICES

PLACE: Tradewinds Hotel
St. Petersburg Beach, Florida

DATE: April 29, 1997

TIME: Commencing at 9:00 A.M.

REPORTED BY: KELLEY N. SIMPSON, R.P.R.
Notary Public, State of Florida

VOLUME II - Sessions IV-A, IV-B

ROBERT A. DEMPSTER & ASSOCIATES
OFFICIAL COURT REPORTER
Post Office Box 35
Clearwater, Florida 34617
(813) 443-0992

1 P R O C E E D I N G S

2 MR. STRONG: I'd like to welcome you-all to
3 day two of the Radio Technical Commission for
4 Maritime Services Annual Assembly. We are glad
5 to have you here. We hope you've had a good
6 night's rest.

7 My name is Harry Strong; I'm a member of the
8 board of RTCM and the planning committee. I work
9 for Myer Tech Systems, a not-for-profit
10 organization that evolved this year, supporting
11 the federal government since 1958.

12 I'm very pleased to be your daily
13 coordinator. If you have any problems or
14 concerns, things that I can do to make your day
15 more comfortable, head you in any direction you
16 might need, I would appreciate it if you would
17 come and see me and I'll try to do whatever I can
18 for you.

19 I have a number of administrative
20 announcements. First of all, we would very much
21 appreciate it if you would go to microphones. We
22 have Eddie over here on the sound system. I'm
23 sure he would rather be mixing a rock and roll
24 band, but today Eddie is going to be looking
25 after us with our aging equipment and our

1 microphones, so please go to the mic and identify
2 yourself, and that will help all of us.

3 Secondly, please wear your badges. Helps us
4 to get to know you, you get to know us. And put
5 those right here where they're visible. We
6 appreciate that.

7 Also, since overnight, despite computer
8 problems and printer problems, there are piles of
9 lists of attendees out on the table out here
10 beside the bulletin board, and also lists of the
11 suites and the organizations who are exhibiting
12 in those suites. It's a very handy list to have
13 as you migrate around through the second and
14 third floors of the hotel.

15 And I would urge you -- I went to most of
16 the suites last evening. I would urge you to go
17 and to visit the vendors, the people representing
18 the products here. Some excellent exhibits,
19 demonstrations I think you'll find very, very
20 much worth your while.

21 The organizations spent a lot of time, money
22 and effort coming, we appreciate that and you can
23 express your appreciation by dropping by and
24 talking with them.

25 Just a brief overview of the program today.

1 First off, we're going to have the morning
2 sessions looking at the communications and
3 transponder technology, someone will follow on
4 from yesterday. Then we're going to turn to
5 integrated NAV and shipboard systems prior to
6 lunch.

7 After that we'll be looking into charting
8 and charting technologies in the afternoon
9 period. And then again we will adjourn in time
10 for folks to get a chance to go to the suites and
11 to see some of the exhibitors.

12 So with that, let me introduce our moderator
13 for the morning, that's Bob Perris. Mr. Perris
14 is a senior electronics engineer with the United
15 States Coast Guard. He serves as the technical
16 leader for the Vessel Traffic Service Project
17 Office, which he joined in 1994.

18 Mr. Perris is a graduate of the University
19 of Massachusetts. Prior to joining the Coast
20 Guard, he spent 26 years working for the U.S.
21 Marine Corp. and the Space and Naval Warfare
22 Systems Command, Spa War.

23 In his career with the Navy, he developed a
24 field of variety of tracking and communications
25 systems for vessels, land, mobile units and

1 personnel. A number of those systems went on to
2 Desert Storm and were credited with numerous
3 rescue extractions and saving lives.

4 He has also been the project manager for the
5 Royal Saudi Navy, C-3 Program, and head of Spa
6 War International Programs in foreign military sales
7 office, and also was a U.S. Navy fleet systems
8 engineer.

9 Keeping with our divulging of what we sail
10 in, Bob tells me that he owns a canoe fully
11 equipped with DGPS, a transponder and a small
12 radar.

13 MR. PERRIS: Thank you. Thank you, Harry,
14 for that kind of introduction.

15 This morning we're pleased to have a panel
16 of six distinguished members of industry.

17 Can you hear me back there okay? Okay.
18 They will present telecommunications technology
19 as with respect to AIS and VTS. Before I
20 introduce the panel, I would just like to briefly
21 go over the agenda, and the first chart.

22 We'll have two presentations this morning,
23 first one will be given by Tom Braithwaite and
24 the second by Mr. Don Sitsma. Then we'll have a
25 20-minute break.

1 And next slide, please. We'll reconvene at
2 ten o'clock and have the remaining three
3 presentations. And now I'd like to present our
4 panel.

5 Our first paper was co-authored by Mr. Tom
6 Braithwaite and Mr. Scott Rockhold, and it's
7 entitled Spread Spectrum as a DSC Gateway
8 Destination. And Mr. Braithwaite currently is
9 director of business development for the AIRINC
10 Corporation. He is responsible for surface
11 transportation, including rail, transit, highway
12 and marine systems.

13 Mr. Rockhold, seated right next to him, is
14 the chief engineer at Hughes Maritime Systems,
15 responsible for all technical matters related to
16 maritime systems.

17 And our second paper this morning will be
18 given by Mr. Don Sitsma, sitting at the end of
19 the table. Don is the president of Meteor
20 Communications Corporation located in Kent,
21 Washington with offices in the east coast and
22 Europe?

23 MR. SITSMA: Also one in England.

24 MR. PERRIS: Also one in England. Thank
25 you.

1 His paper -- this is a tongue twister, so
2 I'll have to read this one. Application of Very
3 Low Frequency Extended Line of Sight Technology
4 for AIS Systems.

5 And with that, I'd like to turn it over to
6 Mr. Braithwaite.

7 MR. BRAITHWAITE: Thank you, Bob. Good
8 morning everybody. First, I think I'm obligated
9 to tell everybody what AIRINC means, because I go
10 through this every place I go. It originally
11 stood for Aeronautical Radio Incorporated. We
12 are owned by the airlines and we are the
13 communications company for the air transport
14 industry. And now you can remember that acronym,
15 kind of an acronym of acronyms now.

16 The good news is that I'm not going to be
17 technical this morning. I originally started to
18 do this paper on some spread spectrum technology,
19 but I realized as I get into this, the issues,
20 the concept of the system were much more
21 important. And so today what I want to do is
22 really bring, bring up the issue of all of the
23 features that we've been discussing for, for the
24 various ports throughout the United States and
25 try to divide the system into two pieces.

1 What I'm really recommending here is that we
2 take a look at the safety issues as part of the
3 Coast Guard VTS, and leave all of the other
4 enhancements to port productivity to the business
5 of running the port and let the stakeholders in
6 each of the ports effectively wind up operating
7 an information system similar to the LA/LB Marine
8 Exchange on a profit making basis this time,
9 where the cost of deploying that system can be
10 borne by the users on a fee basis. So that's
11 what I'm going to get into a little bit today.
12 The first slide, please.

13 In my paper I talked about the vision of
14 what this country is going to look like in the
15 year 2020, and I honestly believe that we're
16 going to see information technology by the year
17 2020 of an order far beyond our imagination right
18 now. The only question I have is how we're going
19 to get there and how long it will take.

20 When I talked about the VTS just for the
21 safety of the ports, I think it's a much cleaner
22 issue. It's something that the Coast Guard can
23 operate, they can get funded from Congress, it's
24 a clean issue. And when I talked about a Port
25 Information Management System, it leaves the

1 capability of how that is developed and deployed
2 up to each of the individual ports. PIMS in
3 itself can be a public/private partnership. It
4 doesn't have to just be the pilot organizations,
5 the port authority, the marine exchanges. We can
6 bring in commercial partners and venture capital.
7 There is a source of funding that we can provide
8 that would allow this business to be developed.

9 It can be profitable, and I think that there is
10 enough stakeholders in each of the ports that we
11 can come up with a type of vision that's needed.

12 There's a couple of problems. Problem
13 number one is Automatic Identification Systems
14 needs international acceptance. We've talked
15 about all kinds of systems that we can use, but
16 we must remember that ports have to, have to
17 supply information and get information from ships
18 of the world.

19 These international ships are required to
20 carry GMDSS radio equipment next year if they
21 don't already have it on-board right now. And
22 the easiest transition for that ship is to modify
23 that equipment so that it can handle digital
24 selective calling in the method that's going to

25 be hopefully approved by IMO in 18 months and

198

1 that is ITU recommendation 825. And I won't get
2 into the details of that, that gets pretty
3 complicated.

4 But essentially there's several modes of
5 operation of digital selecting calling radio that
6 would allow both poled position reports from
7 ships in a broadcast method of each ship
8 broadcasting on a time slot basis of what he's
9 got.

10 And that can also contain information on not
11 only just position, but course and speed and a
12 lot of the other safety enhancements that I see
13 coming out of the recommendations of both the
14 Marine Board and the New Orleans committees on
15 the lower Mississippi.

16 I think it will meet all the basic scenarios
17 for safety with the VHF marine band. And that's
18 the one that's internationally accepted right
19 now. And although we have some problems in this
20 country with lack of frequency allocations
21 because we gave a lot away to the railroads years
22 ago, I think we can still work around that with
23 some narrow banding and some other concepts.

24 But it does give a cost effective approach
25 to the ship owner, and it allows interfaces to a

199

1 lot of on-board systems. You can connect into an
2 integrated bridge system, connect into the
3 on-board GPS, get heading information, speed
4 information, et cetera.

5 The second problem, and probably a little
6 stickier problem, is the need for efficient port
7 operations. The DSC concept right now as
8 recommended by ITU in that 825 recommendation
9 really doesn't have enough data right, enough
10 band with enough speed to give us all the things
11 that we've seen talked about here and all the
12 things that we've seen coming out of the lower
13 Mississippi River recommendation in particular.

14 I don't think that's a Coast Guard
15 responsibility either. I think that a lot of
16 those enhancements to the information system, the
17 AIS system, can be taken care of by the port
18 stakeholders themselves. I personally don't
19 think Congress is going to fund it. I don't
20 think they are going to go beyond the safety
21 issue. If they do, then we all get real lucky.
22 I just don't think we should count on that.

23 The port stakeholders can run this as a
24 business, but they need a champion in each of the
25 ports. Somebody like the LA Marine Exchange that

200

1 stood up and took the lead and worked the problem
2 both at the state and federal level.

3 One of the things that I wanted to bring up
4 was the concept of ISTEA, and I know a lot of you
5 aren't familiar with this, but for five years
6 Congress has been funding the Intermodal Surface
7 Transportation Efficiency Act. It's coming up
8 for renewal for another six years worth of
9 funding, going to be about a billion and a half
10 dollars in it, the last one had over a billion.

11 That money has been used to develop national
12 architecture for highways, and particularly
13 communication systems for information traveler,
14 travel information systems. The railroads are
15 getting money out of it, the Commuter Rail
16 Subways Transit Organization, metropolitan areas
17 are getting funds and grants out of this stuff.
18 Marine is not getting anything.

19 I think there is every reason to expect that
20 we could put in for grant money with DOT, make a
21 very cogent argument that we are a very strong

22 part of the intermodal operation of this country,
23 and see if we can get some deployments to do this
24 PIMS thing, which is precisely what Congress
25 wants. They want public-private partnerships.

201

1 They want to seed the money into the local, state
2 and local level, and then they want to be able to
3 step aside, get out of the way and let it be run
4 as a profit-making business. That's why ISTEA
5 was created.

6 There's also state infrastructure banks that
7 have been created out of Congress that provides
8 funding in very attractive rates and sometimes
9 grants. There's private firms that can put up
10 money. Typically the federal grants are at 80/20
11 match, 80 percent comes out of the federal, you
12 have to come up with 20 percent locally.

13 Companies can step up and say, you know, we
14 put a million dollars or more of research and
15 development together, and we want credit for that
16 as part of our matching funds and that has been a
17 settled argument.

18 To do a, to do an effective PIMS we've got
19 some challenges ahead of us if we're going to do
20 this. We need to, we need to recognize that

21 technology is changing rapidly and it's one of
22 the reasons I'm saying let's draw a box around
23 the Coast Guard responsibility, freeze it and get
24 on with our life, because the other technology is
25 changing so fast we'll chase it for another ten

202

1 years like we have now if we don't do that.
2 The protocols need to be established so we
3 can have some standardization in communications.
4 There's already a national transportation
5 communications interface protocol been developed
6 for highway and train work. We may be able to
7 adopt that, provide us with both the messaging
8 format and the interchange.
9 Wireless technology. Ships are old. We
10 have to have wireless technology to be able to
11 reach the ships. And there is so much going on
12 in that, and I talk about so many forms of that
13 in my paper, one of which is coming up on the
14 next slide.
15 We need a network architecture that is going
16 to be flexible enough to be adapted to each of
17 the individual ports. We know that all of the
18 ports are different. No two ports are identical,
19 but we have to have an architecture that can be

20 adapted to that.

21 We have to identify the data sources and the

22 data users. This is how we're going to make some

23 money. The information that has to be for sale

24 comes from a variety of sources, weather

25 information, tide and current reports, berthing

203

1 assignments, pilot assignments, tug assignments,

2 anchorages. I always admired the Singapore

3 folks. They want 90 percent of their berths

4 occupied all of the time and they're striving

5 hard to get there. That's a pretty efficient

6 operation.

7 And the data users, the people who are

8 willing to buy the information. We can even look

9 at cable subscriptions for information. Next

10 slide please.

11 The maritime net that, one of the things I

12 want to talk about is the possibility of a

13 protected spread spectrum frequency. We don't

14 know if we can achieve this, but we are looking

15 at 5.6 gigahertz spread spectrum frequency. And

16 if we can get it with enough band width, we may

17 be able to get the data rates that we need to run

18 a wireless network. IEEE is now approved.

19 802.11, which is the wireless network standards,
20 this is something that may serve a port area
21 where everybody can effectively think that
22 they're tied in on an Internet cable.
23 There is new connections that we can give
24 them to a broader worldwide Internet, and new web
25 cast technology has now come about where each

204

1 individual subscriber can get precisely the
2 information that they want in real time, updated
3 all the time.
4 These are the new technologies that I don't
5 think we need to throw on the Coast Guard and say
6 this has to be part of VTS. It's a business and
7 we can run it that way. And the last slide,
8 please.
9 The thing that has to happen is we have to
10 make a business case. It's the only way we're
11 going to get the type of solution that
12 managements and any organization will sign up to
13 go forward with. It will be similar to what the
14 Marine Exchange in LA/Long Beach does, they will
15 be selling information.
16 We need a market analysis prior to any
17 investments that we ask people to make. We need

18 cost models. We need to automate as much of the
19 services as we can to keep those costs down. You
20 can't staff this with a lot of people and expect
21 to make any money at it.

22 Cash flow is the most important aspect of
23 any new business. More businesses go bankrupt
24 because they get behind in that cash flow and
25 they can't make their payroll. We have to be

205

1 able to stay in the black at all times, and
2 that's what a good business case does for you.

3 This information for fee stuff really is a
4 small fee for a very large customer base. And if
5 I asked an Internet, a cable subscriber to pay a
6 dollar for a month to get all of the marine
7 information on the port that they wanted, that's
8 not asking a great deal on the cable
9 subscription. But if you had half a million
10 users, that's a lot of money.

11 The last thing I guess I wanted to make for
12 a point on this is that port efficiency really is
13 a winning situation for everybody. The ship
14 owner wins, the port authorities win, the Coast
15 Guard and the federal government win. I can't
16 see any losers on this.

17 And I know we're not going to have questions
18 until about an hour and a half from now and you
19 probably all forgot what I said anyhow, so I want
20 to throw one question out to the audience and
21 hopefully I can get some response when we come
22 back for questions and that is, does anybody see
23 any reason why this concept won't work?
24 Thank you for your time.
25 (Applause.)

206

1 MR. PERRIS: Mr. Sitsma?
2 MR. SITSMA: Thank you, Bob.
3 My paper this morning is going to look at
4 specific applications of ASI or AIS. And I'm
5 going to try to stay light on technology, and
6 just be a little more heavy on specific
7 applications.
8 A little bit of background on our company.
9 We were established in 1975. We're located in
10 Seattle, Washington. And MCC is basically a
11 systems integrator and functions as a prime
12 contractor for deploying turnkey communication
13 systems for the purpose of data gathering and
14 data dissemination, which essentially is an AIS
15 network.

16 We use two types of technology, both VHF
17 meteor burst communications, which may be a new
18 term to some of you, and extended line of sight
19 technology. And these two operate seamlessly
20 with one another and have been used successfully
21 in deploying a number of AIS-type networks. Next
22 slide, please.

23 Just briefly on technology, meteor burst
24 communications makes use of billions of
25 micrometeors that enter the atmosphere daily.

207

1 They vaporize, they burn up, they leave a trail
2 for about a quarter of a second, and that is used
3 as a transmission medium for VHF radio signals.
4 Gives us a range of approximately 2,000
5 kilometers. And this is a channel that's very
6 noisy, it's intermittent, it's a difficult one to
7 reliably communicate on, so our company has been
8 developing very robust and adapting protocols
9 over the past few decades to successfully use
10 this transmission medium.

11 As I mentioned, this has a long-range
12 effect. But it also has a very good extended
13 line of sight range. It's difficult to see this.
14 Right in this area here, we get a good range of

15 about 75 to 100 miles by ground wave, a
16 refraction of the low VHF signal around the
17 curvature of the earth. Those elements, combined
18 with the protocols that we have, gives us a very
19 good, robust VHF technology. Next slide, please.

20 Principle features of which are, this is a
21 system that will operate on one frequency in the
22 low VHF band. As I mentioned, ranges go up to
23 100 miles on extended line of sight. And we use
24 a protocol that combines both CSMA and time
25 division multiple access, and we get a channel

208

1 efficiency and utilization of about 90 percent.
2 That's about all the depth I'll go into on the
3 technology. I'd encourage you to take time to
4 read our paper and we go into a little more
5 detail at that point.

6 Typical AIS network is comprised of
7 transponders on board vessels, one or more base
8 stations, and then, of course, the control center
9 where the, where the data finally is transmitted
10 to.

11 The base stations -- generally if there is a
12 land line available, they will tie directly into
13 a control center. If not, they will function as

14 a repeater station, operating into the nearest
15 base station and then to a control center. The
16 transponders on board the ships, as you can see
17 we provide both ship-to-ship and ship-to-shore
18 communications.

19 The way the system operates when it, when a
20 vessel approaches or enters into an AIS network,
21 it will operate in the CMA mode, carrier sense
22 mode, multiple access mode, establish
23 communication with its nearest neighbor. If it's
24 outside of a base station range, it will
25 automatically communicate with the nearest vessel

209

1 and there will actually be groups of vessels that
2 will form their own subnetwork of communicating
3 with one another. If one of those vessels comes
4 in contact with the base station, then it
5 functions as the repeater station for that group,
6 and all vessels can communicate then into the
7 control center. Next slide, please.

8 Briefly show you what's, what equipment goes
9 into a base station. See there, it's two
10 elements, primarily. There's the transponder,
11 which is the same unit that's used on board the
12 vessel, so we just use one radio throughout the

13 network, and then one antenna, which can be a, as
14 you can see, either a folded I pole or just a
15 ten-foot whip. Those are the basic elements of
16 the base station. Can operate off either AC
17 power or solar panel if that's not available.
18 It's completely automated, unattended, and
19 if there is not a land line available, then it
20 can function as a repeater station -- next slide,
21 please -- which then can communicate directly
22 into the nearest base station. They're very
23 light weight and small base stations. They're
24 rapidly deployed in times of emergency or, or if
25 the network needs to be extended periodically for

210

1 maybe a community of vessels and aircraft that
2 may be responding to an incident, a portable
3 repeater station can be set up very quickly.
4 The transponder assembly on board the
5 vessel. Next slide, please. This unit right
6 here, it's about the size of about a sheet of
7 paper and about an inch and a half thick, and
8 then a ten-foot antenna here on the vessel.
9 Those are the basic components.
10 Other items that could be added -- well,
11 generally are added, are differential GPS or GPS

12 laptop computer for two-way messaging. And
13 automatic position reporting then is provided
14 from seconds to minutes, and this is a
15 programmable feature, either on board the
16 vessel -- it can also be programed from the
17 control center, transferred to the operator on
18 the, on the ship. It can also be dynamically
19 adjusted, depending on its proximity to other
20 vessels in its neighborhood.

21 And as you can see, we provide the vessel
22 ID, speed over ground, et cetera. Next slide,
23 please.

24 So an AIS network is truly multipurpose. It
25 can be used for vessel-to-vessel communications,

211

1 vessel-to-shore. Yesterday we talked quite a bit
2 about AIS navigation and environmental
3 monitoring. That's very easily embedded into an
4 AIS network. That information gathered into the
5 control center and then again disseminated out
6 into the vessels of the network. And
7 transponders have been placed on, as you can see,
8 the ships, aircraft, helicopters and so forth.

9 So, at this time I'd like to look at four
10 specific systems that have been deployed, just

11 give you an idea of the elements that go into a
12 system and some of the features.

13 The first system is the resource management
14 system. This was deployed several years ago by
15 the Department of Forestry, Ministry of Forests
16 in British Columbia. They respond to incidences
17 each year, approximately 3,000 wild fires, and so
18 their objectives were very similar to the
19 maritime industry. They wanted to eliminate the
20 congestion on voice channels and they wanted to
21 ensure that there was safe and efficient
22 operation of all of their aircraft and
23 helicopters, and they wanted this to be not
24 burdensome to the pilot.

25 So the network that was deployed was an AIS

212

1 network providing update positioning every 30
2 seconds, two-way messaging with full end-to-end
3 acknowledgment. That's a rather large network.
4 They operate approximately 250 transponders on
5 various aircraft and vehicles. And this provides
6 coverage throughout the province of British
7 Columbia and also the coastal areas.

8 Now, the architecture of this system, as I
9 mentioned, consists of about 30 base stations,

10 and that provides complete communications
11 throughout British Columbia. And kind of to put
12 that in perspective, you can put almost six
13 Louisianas into the province of British Columbia.
14 So just with a third of the base stations we have
15 complete coverage, including the coastal areas.
16 Now, as you can see here, the various
17 vehicles and aircrafts communicate directly to a
18 base station, or if they're out of range of a
19 base station, they go to the nearest neighbor and
20 then into a base station into the Victoria
21 control center where the dispatchers have maps
22 that with icons they show all of the, where the
23 resources are located. So when a fire breaks out
24 or there is an incident, they immediately
25 determine the nearest resource and dispatch that

213

1 resource to take care of that, that fire.

2 Then there are a number of work stations
3 connected to the control center in Victoria as
4 well, so it's a client-server system, the server
5 located in Victoria with a complete database on
6 all of their resources. Next slide.

7 Now, there are, a number of their base
8 stations provide coverage along the coastal

9 areas. And so for the past several years there
10 have been a number of vessels that have been
11 equipped with transponders and are part of that
12 network. And the type of vessels tracked, super
13 ferries, tugs, hovercrafts, sea buses. You can
14 see all of them listed there on the lower
15 left-hand portion of the slide. Sailboats, swift
16 shore rays, and also on rigid hull inflatable
17 boats.

18 And this over the past several years then
19 has allowed the various types of AIS technologies
20 to be tested and to be evaluated, such as moving
21 map displays -- those are provided on board the
22 ships and also some of the aircraft -- and
23 ship-to-shore and ship-to-ship communications and
24 so forth. Okay. Next slide.

25 Other system that I want to briefly touch on

214

1 is the system that's being deployed in the state
2 of Michigan. This is a terrestrial system, but
3 still a lot of the elements are certainly
4 applicable to a maritime situation. This is for
5 law enforcement. And the network consists of
6 about 20 base stations throughout lower and upper
7 peninsulas of Michigan providing coverage also

8 over much of the Great Lakes region. Next slide.

9 And this is essentially a data gathering and

10 dissemination network. As you can see, there's,

11 up to 350 vehicles will be assigned to that

12 system. There will be vehicle-to-vehicle

13 communications as well as vehicle-to-base station

14 and into the control center in Lansing, Michigan.

15 So all of the information from these vehicles,

16 position reports, two-way messaging and so forth,

17 differential GPS is all communicated to the

18 central station in Lansing, and then disseminated

19 to up to 28 district offices throughout the state

20 of Michigan.

21 And the next slide shows the transponder

22 assembly that's on a, on a vehicle. Again,

23 automatic position reports and here are the

24 update rate on position as a function of the

25 speed of the vehicle. This is all done

215

1 automatically. Two-way messaging, emergency

2 communications as well, panic button in the

3 vehicle. The driver also has a key chain, so if

4 he is up to a quarter of a mile from the vehicle,

5 he can automatically send an emergency message

6 into the central headquarters in Lansing.

7 And then all of this, those events are
8 monitored in the vehicle, automatically, so it's
9 not burdensome at all to the driver. And there
10 is a mobile data terminal that is mounted on the
11 dash, a two-line display for scrolling, up to 120
12 preprogrammed messages. So if there's a message
13 he wishes to send, he can just scroll through it,
14 hit the send button. So it's very easy to
15 implement for the, for the operator.

16 Also, using GPS we have market drops so that
17 if there are road hazards or accidents that can
18 be reported, that can be entered by a push of a
19 button and taken care of. Okay. Next slide.

20 The system or project we're just working on
21 now is, we call it PACMAR AIS. And this is
22 really the development and assessment of an AIS
23 system in Canada. This is a six-month test and
24 evaluation. And again, this is a joint
25 government and industry project sponsored by the

1 VC Chamber of Fishing, VC pilots and the Canadian
2 Coast Guard.

3 And here you can see we're making use of
4 some of the coastal networks base stations that
5 are part of the British Columbia Ministry of

6 Forest network. There are six additional
7 stations being installed, so there is continuous
8 coverage from Vancouver to Prince Rupert.

9 There will be portable transponders that
10 will be used by pilots. There will be 20 vessels
11 equipped with, pre-equipped with antennas so the
12 pilots can come on board and quickly hook up
13 their portable units. There also will be fully
14 portable units.

15 We have several of them here today, and so
16 we're very anxious for you folks to take a look
17 at that, because we would like to have your
18 feedback because we really want to address the
19 needs of the pilots.

20 This is, as I mentioned, a system that will
21 run for about six months. It will start in May
22 and go through October. And some of the
23 objectives on this system are shown on the next
24 slide. These are all detailed in our paper, so
25 that's probably the best place for you to review

217

1 these.

2 But primarily three areas, evaluation of
3 technical parameters, coverage interference,
4 capacity and so forth. And then the operational

5 assessment, viability of carry-on portable units.

6 And then how, then to address how does AIS

7 integrate and work into a total VTS operation.

8 Final network I'd like for you to take a

9 look at is the International Tug of Opportunity

10 System.

11 The purpose of this network is to provide

12 emergency response to disabled oil tankers in the

13 Puget Sound area, Straits of Wandefuka and along

14 the Olympic Coast Marine Sanctuary. And the

15 purpose again is to prevent groundings and to

16 protect the marine environment. This system is

17 scheduled to come on-line late this summer. It

18 will consist of approximately 100 tugs. May we

19 have the next slide, please?

20 It will be automatic positioning,

21 information available on 100 tugs. Control or

22 the master station will be located in the Marine

23 Exchange in Seattle, Washington. And monitoring

24 stations will be set up at the Coast Guard, both

25 in Vancouver for the Canadian Coast Guard and in

1 Seattle for the U.S. Coast Guard. And there will

2 be a visual read out of ID, tug location, course

3 and speed. And if there is an incident, the

4 nearest tug would be located within a matter of
5 seconds and procedures can then begin as far as
6 dispatching the nearest available and capable
7 tug.

8 The next slide shows you briefly what the
9 network architecture is going to be. This is
10 very detailed, but primarily all of the base
11 stations, there will be four that will be
12 interconnected through what we call a frame relay
13 cloud or EXDOP-25 network. This will
14 interconnect the control center in Kent,
15 Washington, also the Marine Exchange in Seattle,
16 and the Coast Guard facilities in Seattle and
17 Vancouver. So this is a client-server network.
18 This is discussed further in the paper, and I'll
19 encourage you to read that. Next slide.

20 To conclude here, we have a VHF extended
21 line of sight network. There are many
22 applications that can be brought into that
23 network. You can see them all here. Just next
24 one to highlight there is the port environmental
25 monitoring tides, currents, aids to navigation

219

1 and so forth.

2 So in conclusion, certainly VHF extended

3 line of sight is one of the most capable AIS
4 technologies. It makes very efficient use of the
5 spectrum, uses single channel. Efficiencies on
6 the channel approach 90 percent of the protocols
7 used. And the equipment is available, it's
8 off-the-shelf. Nationwide frequencies are
9 available. And it's a proven technology and it
10 works.

11 So thank you for this opportunity to speak.

12 (Applause.)

13 MR. STRONG: I'd like to thank you for two
14 interesting papers and I'm sure there will be
15 time for questions here when we get through this
16 particular discussion.

17 One of the things I want to do just before
18 we break for coffee while you're all here and in
19 mass, is to thank the United States Coast Guard
20 for its significant participation. This is the
21 first time this year that we've ever done this at
22 RTCM, and having all of the Coast Guard being
23 able to be with us and speak in a single day like
24 yesterday and some of today. We particularly
25 would like to thank Lieutenant Commander Frank

2 know worked very hard with the planning committee
3 to put all of this together, and we very much
4 appreciate it.

5 And I also just wanted to really extend my
6 thanks to Admiral North for being able to spend
7 as much time as he did with us. That is a very
8 busy job that he has and we appreciate that.

9 The other thing I wanted to do just before
10 we take the coffee break, if you'll direct your
11 eyes to your right over here and you see the
12 banner of Radio Technical Commission for Maritime
13 Services, you'll notice that it says since 1947.
14 If you do a quick subtraction, you will note that
15 this is our 50th anniversary. I think I am the
16 first person to mention that since this assembly
17 proceeding started.

18 I think that's pretty significant. And
19 while we choose not to have a large celebration,
20 there was suggestions of golf tournaments and
21 fishing tournaments. But nonetheless, if you
22 think of what's happened to the technologies that
23 are associated with our business over 50 years,
24 it's astounding to see the changes that have
25 taken place, that are taking place.

1 I don't know, is Bill Adams in the room? I
2 figured he wouldn't be. But there's been a lot
3 of people in positions of leadership in this
4 organization. I've been privileged in the last
5 two years of working with RTCM, but Bill Adams
6 has been a faithful president for the last number
7 of years, and I just think he does a wonderful
8 job. He is a very humble man and he'd be very
9 upset and will be when he hears that I said this
10 today.

11 But on our 50th anniversary as an
12 organization, I thank you for your support. And
13 I would urge you when you see Bill to shake his
14 hand and say thank you for being our president,
15 thank you for all of the hard work of working
16 behind the scenes. He works very, very hard. He
17 is a task master to make sure that everything
18 goes right. But you-all appreciate that because
19 things are orderly and -- but just go up and say
20 thank you, Bill, for being our president. And
21 don't tell him who told you to do that.

22 See you at 10:00.

23 (Brief recess.)

24 MR. STRONG: We'd like to get started with
25 the second session, continuing on dealing with

1 the issue of communication and transponder
2 technology. Bob Perris will continue as
3 moderator. The one correction to the record, I
4 understand he also has a charting system on the
5 canoe. Bob?

6 MR. PERRIS: Thank you. Thank you, Harry.
7 Can we all take a seat, please, so we can get
8 started? Take another minute to get started
9 here. The theater lights are flashing.

10 Our next paper will be given by Mr. Ross
11 Norsworthy. And Ross's paper will be titled ADS
12 and DSC technology. Mr. Norsworthy is president
13 of Ross Engineering. It's located here in Tampa.
14 He is a graduate of the University of South
15 Florida in Tampa and is a native of Tampa,
16 Florida.

17 Mr. Ross Norsworthy.

18 MR. NORSWORTHY: Thanks, Bob.

19 I'm also an avid boater and fisherman, and
20 once upon a time I was working in the avionics
21 industry with Bendix, I was an engineering
22 manager for Bendix Avionics in Ft. Lauderdale.
23 And Ed King came to me one day from King Radio
24 and said, hey, how would you like to go into the
25 marine business? And I said, what do you want me

1 to do? And he said, well, I want to start this
2 marine company, King Marine. And he says, what
3 you are going to do for the marine business is
4 what you did in the aviation business, only
5 design the integrated cockpit -- we designed the
6 cockpit for the Boeing 757 and 767, which was an
7 all glass cockpit. And he said, I want that
8 same -- that's my vision for marine. And I said,
9 okay. So now I can put my vocation and my
10 avocation together and marry them together in
11 one, so that's how we got into the marine
12 business.

13 So we started King Marine in 1982 and then
14 King Marine got bought and sold in that Allied
15 Bendix thing, and we decided to do Ross
16 Engineering because we were tired of corporate
17 mergers. We didn't know who our boss was. In
18 fact, the joke at King Marine was, the president
19 said, if my boss calls in, take his name and
20 number. So we did Ross Engineering because we
21 got tired of trying to figure out who our new
22 corporate owner was.

23 Okay. So we organized in 1986. We have a
24 lot to say this morning and we're going to try to
25 condense it into 15 minutes. First picture

1 slide, please.

2 Try to get these right side up. This whole
3 thing of AIS started with DSC. The IT
4 recommendations provided for messaging, digital
5 messaging within a radio, and IT recommendation
6 493 and 541 were adopted by the IMO and were put
7 into the Safety Life at Sea Treaty. The idea was
8 that you could push a button and get rescued
9 because you would transmit your vessel ID and
10 position. Next slide, picture slide.

11 We tried to sell DSC. We couldn't for a
12 while because there were no mandates yet in
13 force, so we decided to sell DSC on its merits.
14 So we put scramblers in there and we put all
15 kinds of poling stuff in there and the tuna
16 fleet, fishing fleet started buying them. Next
17 slide, please.

18 So we found that we could provide value to
19 the fishermen by being able to track their boats,
20 doing group callings, secure calling, and
21 individual ship-to-ship calling. Next slide.

22 In 1992 we started installing a number of
23 units on tuna boats. You'll see this tuna boat
24 has a helicopter on its top, and there are other
25 tuna boats in the area, and this is called a

1 spotter plane. And so the task was to be able to
2 communicate securely so that the other tuna boats
3 didn't hear you, and so we scrambled and we
4 tracked. Next slide.

5 This is a picture of the helicopter on top
6 of the tuna boat. Next slide.

7 And on the tuna boat we integrated the Ross
8 DSC500 with a Tremble GPS and a Furuno plotter,
9 and Furuno radar. That was the first in 1992
10 that I know of, first integration of kind of an
11 AIS kind of a system. Next, please.

12 Flip that one 90 degrees. That's upside
13 down. Right side up. That's the integrated
14 helicopter. You see the, that's a GPS, a Ross
15 radio there and there's an Echo Tech plotter over
16 to the side which you can't see. So they had an
17 integrated bridge on the ship. Next, please.

18 This is an integrated radio base station.
19 The next point in evolution was to integrate the
20 AIS, the DSC operating system, the GMDSS
21 emergency watch, and communications all in one
22 radio site. There's two base stations, one
23 directly behind the other. One is an eight
24 channel and one is a six channel.

25 The one in front of you is a six-channel

1 system, which contains all the transceivers, the
2 DSC controllers, the AIS software, the DSC
3 software, the communications software all in one
4 cabinet. These were done under a subcontract
5 with Lockheed Martin who had the prime contract
6 with the Saudies for Ross Tenuric, Saudi Arabia.
7 It's a totally integrated system all in one
8 cabinet. Next slide.

9 That cabinet that we just saw takes two
10 antennas to operate. We can put everything on
11 one antenna, but it's going to take some racks
12 like this. Here in Tampa on a radio tower down
13 the street we have these two jug racks there.
14 Now, that system -- our Tampa system has 14
15 working channels; 12 duplex and the others are
16 simplex. And there is a combiner way of putting
17 them all on one antenna, but it takes a lot of
18 real estate. Next slide, please.

19 This is an example of an AIS work station.
20 This is the one that we have in our shop and some
21 other people in Canada and the United States have
22 similar work stations. There's one of these in
23 Los Angeles County. The Los Angeles County
24 lifeguards under LA Fire Department just ordered
25 a system of just -- we just delivered, they

1 ordered it a year ago, we just delivered the
2 complete infrastructure for them, and we have a
3 high site on Black Jack Mountain on Catalina
4 Island that has a reach from Point Conception to
5 the Mexican border. It's a fully indicated DSC,
6 AIS com system. That's an integrated tracking
7 system. You see on the display the map, screen
8 and all the vessels. Next, please.

9 In addition to tracking the vessels, we have
10 all the vessel data on the right-hand side. Next
11 slide.

12 We also have messaging. Our system
13 facilitates shore-ship, ship-shore and ship-ship
14 messaging through the work station. Next slide,
15 please.

16 It's like flash e-mail. In addition to
17 that, we have ports data. The system is
18 connected to the port server in Tampa and we have
19 all the ports data available to all the users.
20 Next slide, please.

21 This box is an integration similar to -- in
22 fact, some of these are actually on some of
23 those -- there's 80 Valdez tankers that go in and
24 out of Valdez, and that is an integration of an
25 ASDSSE, automated shipboard dependence

1 surveillance system equipment, with a DSC radio,
2 a single-board computer, 12 channel GPS and a
3 beacon receiver. Next slide, please.

4 The pilot said, well, it's not enough that
5 big brother is watching me, we want to watch
6 ourselves. So how can you give us something to
7 look at? So we interfaced this to, in this
8 illustration, a laptop PC which gives all the
9 same facilities to the ship that are on the
10 shore. Next slide, please.

11 And then they want portables. Bob Steiner
12 had a lot to say yesterday about needs, needs,
13 needs, and Captain Cropper from Tampa said, yeah,
14 but we looked at some things and there are some
15 things we want. So possibilities and needs are
16 in a do loop that goes around and around.
17 Hopefully we can find some exit point and draw a
18 box around this thing, because the more you find
19 that you see in possibilities, the more you
20 define as needs.

21 And so we need some portable units. Why do
22 we need portable units? Because in the interim
23 while we're waiting for the mandates to come down
24 and all the vessels to have the equipment

229

1 the state licensed pilots carry these aboard.

2 Someone said, you can do this wireless? We
3 need wireless. Again, possibility turns into
4 need. And so we put enough battery capacity in
5 this unit to last for 12 hours. We have a laptop
6 PC, all the things, and it's totally wireless.

7 The suitcase hangs on a rail on the fly bridge
8 above the main bridge and the pilot has the
9 laptop PC and there is a 2.4 Gig wireless serial
10 link between the two. Next slide, please.

11 They said, oh, you can do it lighter. We
12 need it lighter. Smaller, lighter. Not only do
13 they want wireless now, they want it smaller,
14 lighter. And so in our lab we have another
15 suitcase. The black one to the right is a
16 smaller, lighter version of the heavier, clunkier
17 one to the left. Will somebody let me off the
18 treadmill? Next slide, please.

19 Okay. And then on the laptop PC we see a
20 turn. Somebody said, you know, could you draw us
21 a constant radius turn? You know, we have this
22 cross draft where when we're going to from weight
23 point A, to weight point B, but we don't navigate

24 weight points when we're in turns. It would be
25 nice, too, if we could see the turn. Oh, you can

230

1 do that? All right. Possibility gives rise to
2 need. We need a cross-track indicator that's
3 good in a turn. So there we've drawn in the
4 turn, a constant radius turn, and we give them
5 cross track against the next turn. Can you tell
6 us how far we are until the next turn?

7 Possibility gives rise to need.

8 On the right-hand side of the screen in blue
9 we have a countdown to the next event. Can you
10 give us closing information on the nearest ship?
11 Yes, we can. The message box on the right gives
12 you all the closing information on the ship or
13 the ship you clicked on. Feet off the centerline
14 to the left in red. Red or green? Yes, red or
15 green. We need that. Cross-track indicator on
16 the right, we need that. We need to see that.
17 Okay. Next slide, please. And we need to see
18 our ship's actual size. We do that, too.

19 Can you message back and forth? We need
20 flash e-mail back and forth. Yes, we can. So we
21 installed flash e-mail.

22 We need ports data on the ship because we

23 need to know what the tide situation is so that
24 we can plan where we're going to be and when
25 we're going to be. There's ports data. Next

231

1 slide, please.

2 Okay. We finished with the pictures, now
3 for the words. I've given you a paper today --
4 and my time is going fast. The paper today has
5 too many pages, so we're not going to read all
6 the slides. Put the first one up for us, Tom,
7 the first message slide.

8 That just tells you something about the
9 company, something about our involvement in the
10 international arenas. We volunteered into the
11 ITU working parties a few years ago because we
12 felt there was a need for us to understand what
13 was going on and maybe participate a little bit.
14 And we've also volunteered into the IMO NAV-43
15 process and we'll be going to London in July to
16 help the United States and the rest of the world
17 figure out what we're going to do. We are a
18 pioneer in digital selective calling and
19 automated independence surveillance. Next slide.

20 This is a summary of our contributions to
21 U.S. government sponsored projects. Next slide,

22 please. You can look at those later. That is
23 just some advertisement, but it's true.
24 Our customers are Army, Navy, Coast Guard,
25 Canadian Coast Guard, Lockheed Martin and a bunch

232

1 of other ones. We are currently the standard on
2 all Army, U.S. Army watercraft, and our
3 population in the Navy is increasing rapidly as
4 well. Coast Guard is going out for procurement
5 of DSC radios, I hope we win. Hope somebody good
6 wins anyway. Next slide, please.

7 What are the requirements of DSC? There are
8 a list of requirements if you care to look at
9 them. I think there are now six ITU
10 recommendations that reference DSC or are DSC.

11 The little radio became an integrated
12 multi-mode shipboard radio system which has all
13 the feature capabilities in it. It's very
14 programmable. The Ross DSC-500A gives a date
15 with a laptop PC and it can be anything you want
16 it to be. It's infinitely programmable and it
17 has menu selections and stuff on it. Has all the
18 standard interfaces to other shipboard equipment
19 and shore-side equipment. Next slide, please.

20 There's the combined radio cabinet with

21 everything in it, and we can do it on one antenna
22 as well as two. This is a summary of what is in
23 those integrated radio cabinets. Next slide,
24 please.
25 The Ross DSC implementation provides

233

1 electronic charts, accepts standard vector
2 charts. Also interfaces to ECDIS, using a
3 standard IUC1162 interface. It gives you the
4 wide area waterway of all ships positions on
5 screen at actual size with an active default to
6 minimum size, so a ship never goes below a
7 minimum size so you can see it. Closing
8 information on the closest other ship, all ships
9 data as per the recommendations is available.
10 Complete shore-side watch-standing capability.
11 Flash e-mail messaging available to all stations.
12 Ship-ship, ship-shore, shore-ship and groups of
13 ships selectively. Access to the public switched
14 telephone network for internet and intranet
15 access -- there is your open architecture guys --
16 for access to weather maps and ports data.
17 Facilities fixed installations on ships.
18 Portable wireless units for pilot carry aboards.
19 Expansion capability for other sensors and ship's

20 computers and a complete shore-side multi-mode
21 communication system. Next slide, please.
22 Why DSC? What are the advantages of DSC for
23 AIS applications? Well, we have a globally
24 dedicated frequency channel for calling, for
25 access, for identification, channel switching,

234

1 and distress management, Channel 70. It's
2 globally available, it's a good gateway.
3 Alleviates the need for globally dedicated AIS
4 frequency channels, which is a stumbling block
5 internationally. We have not been able to solve
6 that problem. It alleviates it. DSC solves the
7 problems, alleviates the need for a dedicated AIS
8 infrastructure since AIS can easily be integrated
9 within the GMDSS. That's one to think about.
10 All GMDSS ships have DSC. All shore
11 stations must have, by the implementation treaty,
12 deadlines. We keep a constant DSC watch on all
13 stations, provides a gateway access to all shore
14 stations and all ship stations for controlling
15 other radio base systems such as AIS. Has
16 approved ITU recommendations. The only AIS
17 recommendations currently that are approved are
18 DSC ones. It has an IMO mandated international

19 treaty status. It is the only international
20 standard for AIS and so forth. Can readily be
21 amended and maintained within the working
22 parties. Has an internationally approved
23 standard interface for IEC for integrated ship
24 site.
25 So what more does it need? Well, it needs a

235

1 standardized broadcast mode for ship-ship
2 operations outside shore station coverage.
3 Already has provisions in the recommendations,
4 but there is no documented standard procedure for
5 a broadcast mode for DSC.

6 The second thing it lacks -- I'm running out
7 of time -- is a higher capacity to handle more
8 ships with less time latency. Thanks to our
9 competitors, they've introduced proprietary
10 technologies which in some ways are better and
11 faster. And so DSC in order to not be outclassed
12 and to survive, needs something. Next slide,
13 please.

14 There's a new draft standard, an IMO VTS
15 draft standard which needs to be approved in
16 order to expedite the establishment of AIS. In
17 order to bring this together, we need to expedite

18 the standard.

19 I appreciate what Admiral North had to say
20 yesterday. We need to expedite that. We can't
21 wait forever. We need to bring it home. And
22 here is a plan for doing it.

23 Number one, IMO must can finalize a
24 requirement for AIS using the IALA, VTS draft as
25 a baseline. It's a good baseline, minimal

236

1 tweaking, and it can be the IMO standard,
2 functional standard.

3 Step two, IMO NAV can liaison with ITU
4 working party 8-C a request that the working
5 party, A, approve a technical recommendation that
6 meets this standard; B, add a broadcast mode to
7 DSC which is an approved recommendation which
8 would -- well, along with any other necessary
9 modifications, which would be minimal, that would
10 meet this standard, what is the broadcast mode.

11 Thirdly, draft a new proposed broadcast mode
12 for DSC to be added to REC-825. Could be metered
13 communications, could be 4-S, could be a lot of
14 things. Here is a draft liaison statement which
15 tells the ITU or working party what to do. How
16 to get there from here. It's a generic

17 statement, but it recognizes that DSC has some
18 benefits. Next slide, please.

19 I'm already over time, so I'm going to go
20 quickly here. What I've done is I've drafted
21 here for your consideration a DSC broadcast mode
22 utilizing a structured TDMA technique. It's a
23 tabularized method for achieving the performance
24 index levels that other proprietary systems also
25 do.

237

1 This paper is for your consideration. You
2 can go through it in detail at your own leisure.
3 The interested student will readily understand
4 it, but it takes a while to go through it.

5 The intellectual property rights problems in
6 the ITU are numerous. And in order to meet them,
7 we have three choices. You cannot approve an ITU
8 recommendation unless, A, the patent holder
9 waives his rights for the purposes of the
10 recommendation, and thus it is freely available
11 to all parties; or, B, the patent holder doesn't
12 waive his rights but agrees to negotiate on a
13 nondiscriminatory basis with all parties, and the
14 ITU leaves those negotiations up to those
15 parties.

16 In view of all that, I said what if I come
17 up with something and I want to give it to the
18 public domain, I want to make it freely
19 available. Well, the only safe passage mode, as
20 I was told, was to file a patent application and
21 then immediately tell the ITU that you waive your
22 rights. So I did that.

23 Ross Engineering filed a provisional patent
24 application last week with the U.S. Patent
25 Office, and we transmitted a letter to the ITU

238

1 stating that this would be freely available to
2 anyone who wants to implement a recommendation in
3 accordance therewith. Solves the problems of
4 capacity. It's easy to understand. It's
5 organized. It's subject to base station control.
6 And operates on 12-and-a-half and 25 kilohertz
7 channels.

8 Thank you very much.

9 MR. PERRIS: Our fourth paper will be given
10 by Mr. Lars Holmstrom from GP&C Sweden. It's
11 entitled, AIS/4-S Transponders, the European
12 Experience and International Implementation.

13 Mr. Holmstrom is a graduate of the Royal
14 Institute of Technology, Stockholm, Sweden, with

15 a Master's Degree in electronics. Since 1963 he
16 has been a licensed pilot and an officer in the
17 Swedish Air Force Reserve. His current position
18 is marketing director of GP&C Sweden. And he has
19 been active since 1989 in the development and
20 marketing of global positioning and communication
21 systems within GP&C.

22 Mr. Holmstrom.

23 MR. HOLMSTROM: Thank you for inviting me to
24 come and present the 4-S system. I have my
25 president, Mr. Holcum Cabot (phonetic), here to

239

1 answer any possible questions.

2 When you consider a ship-to-ship and
3 ship-to-shore system, the basic thing is to have
4 a data link. A data link which can use the rate
5 of spectrum in a very efficient way. And as far
6 as we understand it, the time division model
7 excess technique is the best, you can use one
8 frequency and you can use it for very many
9 participants.

10 But, you need an efficient way to
11 synchronize the traffic. And one way to do that
12 is to use the UTC time. The UTC time which is
13 available from all GPS receivers with a very high

14 interest. That leaves us a system with no master
15 and no slave. That means you can use it anywhere
16 in the world and you can have it in an extremely
17 efficient way.

18 Then you need to have a way to organize the
19 slots, the allocation of the slots. So that it
20 will be no collisions between all of these
21 participants in the system. And that we call the
22 STDMA, self-organizing TDMA, and I will shortly
23 tell you about that.

24 And the fourth very important thing to
25 fulfill is if you have a congested traffic

240

1 situation, that means that you are approaching
2 the maximum limit of this data link, then you
3 must still be able to have safe transmissions of
4 time critical messages. And I will also describe
5 how that is done. Next picture, please.

6 The way to do this is that you have a
7 transponder. We call this GP&C transponder, that
8 stands for global positioning and communication.
9 Of course, there is a GPS receiver to find your
10 own position, but also for the timing I
11 mentioned. The transmitter/receiver to the right
12 is a VHF radio transmitter/receiver which is

13 totally and fully automatically controlled by the
14 computer according to a special program which is
15 drawn extensively.

16 The transponder is contained in one unit,
17 which is fully integrated and can then be used on
18 ships and vehicles, but also by aircraft and base
19 stations. The hardware is to most extent the
20 same. Next picture, please.

21 There is, of course, a bracket which makes
22 it possible for you to install it quickly
23 and like most. Next, please.

24 Now, the GP&C transponder in its mobile unit
25 is, of course, connected to the ECDIS display of

241

1 the ship, or it could be blind without any
2 display. You see map display at the bottom.

3 If you do like to have communication over
4 the horizon, then sat. com link is necessary and
5 can be provided as an option. That means the
6 ship in the middle of the ocean can report its
7 voyage process every five hours, whatever you
8 want, to the ship owners. Next picture, please.

9 This picture shows the base unit. The base
10 unit, that is the unit at the GPS or along the
11 Coast Guard. Please note that we here have a GPS

12 receiver creating differential corrections.
13 Differential corrections which will be
14 transmitted from the base stations in certain
15 intervals, to make accurate navigation possible
16 for all travelers within the range of that
17 station. This could be a very useful back-up to
18 the yellow type of DGPS beacon receivers. And,
19 of course, you connect the base unit to the DGPS
20 map displays for various kinds. Next picture,
21 please.

22 This might be the most important picture in
23 my presentation. It shows the time frame which
24 is one minute. The time frame is divided into
25 2,250 time slots. And the unique thing here is

242

1 that you listen with your receiver until your
2 privately allocated time slot arrives, and then
3 you make your transmission -- it is 26.6
4 milliseconds long -- and after that you continue
5 to listen on the frequency. And that time spot
6 is privately and said organized allocated in such
7 a way that you get private time slots for
8 yourself as often as is required. And you change
9 within these 2,250 time slots all the time in a
10 certain way so that there will be no blocking and

11 that you can enter the system and leave the
12 system in an orderly way without any risk of
13 collision between the transmissions and the time
14 slots.

15 What you see here is one time slot which
16 contains the most popular message, that is of
17 course the position message. This is a device
18 primarily designed to give very frequent position
19 messages to everybody around you, to give
20 everybody a good situation awareness, and tell
21 everybody who is around you position and speed
22 vector and a few other things.

23 The way to do this very accurate time slot
24 division relies on the GPS time, which is used to
25 synchronize data link. That means that the guard

243

1 time between each transmission is very short and
2 that gives this possibility.

3 In aviation applications, which is a little
4 more advanced than what we have done in maritime
5 applications, we do the double time slot with the
6 division, and we use a little higher bit rate.
7 That is 9.6 kilobits per second. Next picture,
8 please.

9 Now, why do we do all this? This is because

10 we need high capacity. This is a way of doing,
11 using one frequency in one port. You can have
12 300 ships at anchor reporting every three
13 minutes, at the same time as 100 ships to make
14 their position report every six seconds, and at
15 the same time as 100 other ships does every 15
16 seconds, and ships maneuvering -- that means
17 turning and changing their course -- 20 ships to
18 meet every 30 seconds, and still there is time
19 for the base station to transmit differential
20 corrections to make accurate navigation possible.
21 This is that capacity of the system if you use
22 the time spots only once.

23 There are now means of using these time slot
24 several times over so this can be doubled or
25 three doubled if you have a close vicinity in a

244

1 harbor like Singapore or the straits, et cetera,
2 but that I cannot explain at this moment, but
3 that is multiple receivers along the coastline.

4 Here we see the coastal scenario, with a
5 ship-to-ship and ship-to-shore system. Please
6 note VHF, VHF line of sight radio range. That
7 means that this ship, for instance, at the bottom
8 will be heard by everybody around it but not

9 directly from these base stations at the shore.
10 That is the VTS station. There is another VTS
11 station and we have a channel here. And these
12 are remote stations to enlarge the coverage area.
13 Please also note that the standard VHF
14 towers used for VHF communication can be used.
15 These transponders are small, they use only five
16 watts and are interconnected with telephone
17 lines.
18 The system we have will not be disturbed by
19 heavy rainfall like you have here in Florida or
20 bridges or bends in the river, and, therefore, it
21 is much more superior than radar. Especially
22 when you consider that on the screen you will see
23 your own ship's position on the ECDIS display,
24 you will see other ships in the vicinity within
25 radio range on the display including their

245

1 identity.
2 This identity means the possibility to
3 direct report of that ship, either by voice or by
4 text messages. They could be standard text
5 messages, which could be shown in the language
6 preferred on that other ship. Yesterday we heard
7 some stories about language problems. So if you

8 are a British ship and you want to speak to an
9 Arabic ship, that ship can be displaying its text
10 in Arabic and you just get the answer in English.
11 It also makes it possible for the silent
12 VTS, that means everybody sees everybody, there
13 is no need for position reports and a lot of
14 chatting on the radio frequencies. It also is
15 possible to have a VTS station here without radar
16 at all. If there is no radar, if this is a small
17 boat and you cannot afford a radar, you just buy
18 yourself a transponder and a laptop and the
19 people on the beach can see who is out there. Of
20 course, that is that these ships do have
21 transponders and are friendly, and if you are a
22 law enforcement unit you have inscription, switch
23 on the inscription, that means no one else but
24 your completion will see you and you will see all
25 the other civilians and this is the way for law

246

1 enforcement people to see each other and not be
2 seen by others.
3 When you move along the coast line, there
4 will be no problems with roaming. It is a
5 seamless system. You will be in the center of a
6 cell. It is a cellular system that way. And in

7 each cell 2,250 time slots are available for
8 position reports. In the systems we have in
9 Sweden, Denmark, Norway, Germany and Finland, we
10 use an update rate of once per second, because
11 the system has such a tremendous capacity that we
12 can afford that.

13 And in the paper I've given out, these test
14 sites are shown and described, and it's a very
15 ambitious one working in navigation where most of
16 northern Europe is covered and south Europe is
17 about to be covered and the south Atlantic will
18 also be covered with the ATSB system. It is
19 called the VDF Route 4.

20 Of course, recording of positions can be
21 done on the time from VTS stations or any ship
22 that makes the recording. And following up,
23 after environmental and other things possible to
24 follow and investigate.

25 There's another thing. If there is a radar

1 station on the shore and that radar station
2 follows targets, it is very easy to make that
3 radar station to make radar target road cuts.
4 That means that the transponder on that VTS will
5 transmit position reports from that base station,

6 which includes all the track targets from that
7 radar. So that you will have those targets shown
8 on your screen even if they are not equipped with
9 the GPS transponder or the transponder. I think
10 we'll take the next picture, please.

11 This is the typical maritime position
12 report. Every position report shows identity,
13 and then comes position, speed, course of a
14 ground heading and time span, rate of turn is
15 also included. Next picture.

16 This is the maritime vessel data report.
17 That occurs rather seldom, once every three or
18 five or six minutes, depending on how you set it.
19 Here comes the ship's total complete name. The
20 type of ship as defined in the DSC protocols, and
21 the dimensions of the ship. Please note that the
22 GPS antenna position is also shown. That is
23 necessary when you display the ships as seen from
24 above on your screen, so that you will have a
25 true picture of your own ship and other ships.

248

1 So, for instance, navigating in a harbor in close
2 to zero visibility, you will see if you are clear
3 or not.

4 And of course you can also signal a few

5 other things like destination and, of course,
6 text messages. Text messages is the directed
7 calls for certain ships or broadcast to every
8 ship. Next picture, please.

9 This is the typical update rate which has
10 been suggested in the ELIMO standards which has
11 been submitted and is being under discussion.
12 Please note that the designed cruising speed is
13 used here, and that means there is 12 seconds
14 between each update in the first instance here,
15 but if this ship starts to turn, as described by
16 the turn, it shall be computed, to get every four
17 seconds. And a quick fast ship, the high speed
18 ships, they do it every second or every third
19 second. There is just talk about to make that
20 compulsory in Sweden, they get some very high
21 speed catamarans running close to the bank and
22 there has been some accidents. Next page,
23 please.

24 This is just a sum up. This is a global
25 data link. It works on a single frequency. It

1 is a two-way VHF data link. It is autonomous.
2 That means there is no master and there is no
3 slave. It is not depending on the Coast Guard or

4 on VTS stations. Works in the middle of the
5 ocean or it works in the middle of the busiest
6 harbor. It works in broadcast mode, 2,250 time
7 slots. And, of course, each time slot can be
8 reused on either side of the horizon, that way it
9 can be global and theoretically. You can have
10 one single frequency in the whole world, if you
11 can organize it, which is another problem.

12 These are the basic needs for safe passage.
13 See your own position and other's position. All
14 weather, day and night. Even in this squalls.
15 Chart information certainly. Speed of ground,
16 course of ground heading and identity. Messages,
17 broadcast and directed messages. Monitoring from
18 VTS effective in open seas as well as in busy
19 harbors.

20 And this is the ship-to-ship and
21 ship-to-shore 4-S system, provides a baseline for
22 information exchange. It's off-the-shelf
23 technology as described in my paper. Exercises
24 simplicity, fulfills the outcry for silent VTS,
25 and puts the driver in the driver's seat. Yet,

1 provides a conduit for control, positions for the
2 future.

3 Ladies and gentlemen, thank you for your
4 attention.

5 MR. PERRIS: Our final paper will be given
6 by Mr. Bert Tepper. Mr. Tepper is with the
7 Canadian Coast Guard where he is the chief of
8 surveillance systems. Mr. Tepper's paper is
9 entitled AIS in Canada, and Mr. Tepper has
10 recently tested two AIS systems, and we are very
11 interested in his report.

12 Mr. Tepper.

13 MR. TEPPER: Okay. Good. Well, in the next
14 15 minutes I'm supposed to tell you the
15 experience that Canada has with automatic
16 identification and what the Canadian Coast Guard
17 has done in order to test available systems.

18 You have heard the three previous speakers
19 talking about the AIS sea mode, AIS broadcast
20 mode and also Don Sitsma talked about his ELOS
21 system. And I'm sort of happy to inform you that
22 we have experience with all of these three
23 systems in one fashion or another.

24 In order to prepare this talk I thought the
25 best way is to order it according to chronology.

1 In 1993 we started out with a very simple VHF,

2 ELOS system, which you heard about this morning.
3 And contrary to what has been said before, we
4 were really driven by need. We didn't ask for
5 possibilities, we came out with a need, and our
6 need was the tracking of fish factories in the
7 neighborhood of Tofino, and I'm going to say a
8 few more things when I get to that specific item.

9 Then in 1994 the Canadian Coast Guard in
10 1992 started to experiment with differential GPS,
11 and consequently since every AIS needs a position
12 advice, needs differential GPS or GPS, we thought
13 it natural that we get our feet wet, so to speak,
14 with a basic R and D project that would evaluate
15 AIS.

16 At that point in time, 1994, the only system
17 we knew about was the AIS/DSC system. And we put
18 one in Tofino, because we had no money, and so
19 our system configuration had to be simple and we
20 relied for targets to be the taps anchor that
21 originate from the Port of Valdez.

22 But at the same time, 1995, '96, all of a
23 sudden something happened and we had the
24 so-called AIS Pilot Project, and I will say quite
25 a bit about that, because I'm sure that you're

1 quite interested in what we feel is the output
2 from that particular project.

3 In 1996 having a DSC air system in Tofino,
4 we said let's try it for the fish factory testing
5 instead of the VHF ELOS system, and you see the
6 reason for that.

7 In 1997, which is this year, as Don Sitsma
8 already described, we are also going to do a
9 major test out on the west coast using the MCC
10 system. Now let's start into it.

11 The period of 1993, '95, the problem was how
12 to track clusters of fish factory vessels off the
13 VGS Tofino. The problem there is closely bunched
14 factory vessels, the radar and S-band radar which
15 we have out there does not have sufficient
16 resolution together with the tracking capability
17 to at all times track the ships, their names and
18 their positions. And our VTS operators demanded
19 something that would assist them in this task.

20 And the system that was suggested at that time
21 was the VHF, ELOS system which we at that time
22 rented from Spacial Information Systems, a
23 company in Alberta.

24 The equipment was very simple,
25 self-contained, no networks, nothing. One base

1 station at Tofino VTS center and about 15 ship
2 transponders were deployed during each fishing
3 season. And we did that during '93, '94 and '95,
4 during those shipping seasons. The application
5 was very simple, monitoring of fish factory
6 vessels during these three seasons.

7 The equipment that we used looked roughly
8 like that. You will recognize the box that Don
9 Sitsma described this morning to your left, and
10 at that time we did not have differential VTS, we
11 used the simple receiver and the corresponding
12 antenna.

13 Needless to say, the operators like the
14 system very much and we're quite happy because it
15 did reduce their work load. In '94, '96, as I
16 said before, we said we should get some
17 experience with this new technology of AIS. The
18 Canadian Coast Guard recognized that AIS has the
19 potential to significantly improve the operation
20 and the technical things around VTS, the
21 provision of VTS services, and we wanted to, so
22 to speak, get our feet wet in the start with a
23 small little process.

24 Our test set up was operational in 1995 to
25 begin. In order to save the costs, and that has

1 been quite a bit of hampering us in a manner of
2 fashions, because these setups are not cheap, so
3 we have one shore station at Tofino. We will
4 have one ASDSSE model, the 12,500, and we
5 monitored the TAP tankers.

6 Now, during 1995, '96, the evaluation
7 program developed a lot of development work and I
8 leave that until I discuss the AIS pilot project,
9 because those two periods started now to overlap.

10 I do a little bit of a jump into 1996
11 because I said before the tracking of fish
12 factory vessels is still a problem, and this time
13 the lease contract for the three years had run
14 out and we have a small little AIS, DSC project
15 going, and so we said let's use it to try to
16 track the fish factories. So we had some 12
17 simple AIS, DSC transponders together with the
18 ADS-500A from Ross Engineering and the associated
19 AIS software. Again the system was used to track
20 fish factory vessels.

21 The way it looked, this is how our display
22 screen in Tofino looked like. These are -- there
23 is one particular incident in time when the fish
24 factory vessels are clustered around. If you
25 want to select any one particular vessel, you

1 move the cursor on it, it turns red and you can
2 see on the right-hand side the, the description
3 relating to that particular radio. And we
4 selected one of our test radios in this
5 particular time, also one screen tells you all
6 the vessels that are in the vicinity.

7 Now I come to our AIS pilot project. 1995,
8 '96, the AIS pilot project. During last year's
9 RTCM meeting, I described what we have planned,
10 how we set the system up, and how we were going
11 to plan to test it. At that time we were not
12 having completed our test, therefore we did not
13 have any feedback on that material.

14 So just to review very briefly, the AIS
15 system that we use for that purpose, that pilot
16 project, was in the cities of Quebec and the
17 cities of Montreal. Here is Montreal, here is
18 Quebec.

19 This diagram shows the configuration for
20 both systems, the AIS/DSC system and the AIS
21 broadcast system. The small little solid circles
22 here show the location of the VHF transmitters
23 and receivers relating to the AIS broadcast
24 system. The dotted lines refer to the AIS
25 broadcast system.

1 The different ranges are perhaps misleading.
2 They are entirely related to the fact that some
3 of the sites are very high and some of the other
4 sites we use existing facilities. The
5 corresponding information from either, from what
6 Trois-river, Sorrel and Montreal are all routed
7 in the Montreal VTS stations, and the system here
8 was routed in our Quebec station.

9 Now, the AIS broadcast system which we
10 started in around the 1995, '96 was a very simple
11 system. A lot of improvements have been made
12 since then. But when we started out, we had
13 this. We had autonomous mode of operation, with
14 reporting rate was fixed at one second, the
15 message capacity was about 40 characters,
16 ship-to-shore, shore-to-ship and ship-to-ship
17 direct.

18 Shore stations cannot function as a
19 repeater, and we demonstrated that as well that
20 when two ships are not in its region of coverage
21 and they want to see each other on display
22 screens, then the shore station can indeed serve
23 as a repeater. And we demonstrated that in the
24 area of Quebec. And we had a high performance
25 display at that point in time that was furnished

1 by the company.

2 Now, as far as the AIS DSC system is
3 confirmed, we started also out with a basic
4 configuration, Channel 70 poling, automatic
5 access on Channel 70, but manually adjusted
6 poling rate, partial working channel capability,
7 we had some problems. And we had the GMDSS
8 distress calling capability and a basic
9 functionality as explained before.

10 Now, during this period a number of
11 developments took place at Ross Engineering, and
12 we worked very closely together as we already,
13 Ross Engineering, Mr. Norsworthy, has explained
14 the features that he has nowadays. But when we
15 started out the entire test period from roughly
16 December '95 to December '96, was a series of
17 very interesting developments, and they were
18 driven by our needs.

19 And sure enough, possibilities and needs
20 sometimes chased each other, but one of the key
21 things before we started on this pilot project
22 was the requirement that ships can see other
23 ships. Our marine industry who was a partner in
24 this whole thing said, we are not interested in
25 participating in any AIS trials unless you can

1 demonstrate to us that we can see the ships. In
2 fact, our surrounding neighbors.

3 In fact, it is quite interesting and I can't
4 help but have a lot of interesting discussions,
5 certainly with the U.S. Coast Guard I would like
6 to discuss it sometime, our marine industry said
7 we don't want VTS. Give us a system that allows
8 us to see where the traffic is and we can operate
9 independently. Those are the extremes.

10 Obviously VTS is there and VTS is there to
11 stay, but nevertheless that was one of the key
12 parameters that ships have to see each other.
13 Message capability always to me is interesting.
14 We have a ship-to-ship via rebroadcast,
15 ship-to-shore and shore-to-ship. All of these
16 things were developed in that period. The
17 message capability, we started with something
18 like 250 characters and increased us to 13K, the
19 Canadian Coast Guard had tested to 5K only at
20 this point in time.

21 The number of ship reports were increased.
22 We started with 40 on a working channel and have
23 it now increased to 250 ships per minute, or
24 ship-to-ports per minute. And the variable
25 reporting rates via specific speed groups have

1 also been incorporated, something akin to what
2 the broadcast system can do and that it can
3 adjust its reporting rate as a function of the
4 speed and operations of the vessel.

5 Continuing with the development, one of the
6 key factors was the pass over from one sector to
7 the next sector to the next sector from the next
8 sector, and that caused quite a bit of problems
9 in the beginning. In the beginning we did not
10 have automatic hand over as the ship goes from
11 one coverage sector to another coverage sector
12 because the frequencies have to change and that
13 is quite an interesting little problem.

14 But just before we finished our experiments
15 in December of '96, for one trial, one ship, the
16 problem was solved and we did indeed have
17 seamless continuous coverage and have over from
18 one sector to the other sector without VTS
19 operator involvement.

20 Other things that were added was a remote
21 monitor facility, remote power switching of
22 shipboard transponders, range and bearing
23 indications and base to ship, and a basic logging
24 capability.

260

1 being? I call them preliminary conclusions
2 because we still -- there are a lot of people
3 involved, a lot of organizations. And they are
4 at this point in time reviewing the final report.
5 And consequently, I have extracted the key
6 conclusions, the most interesting ones at this
7 point in time, and within about two months we are
8 going to have perhaps a more extensive set of
9 conclusions. But as I said, there is a lot of
10 organizations that have to give their blessings.
11 Well, let's run through them quickly. AIS
12 is a valuable compliment to radar. Our radar
13 operators have decided and have concluded that in
14 those areas where radar already exists, AIS does
15 have a specific role to play, it does provide an
16 interesting addition to that. In areas where
17 there is only a VHF zone, then AIS significantly
18 improves VTS operations where we have only a VHF
19 controlled zone.
20 Coast Guard operators and Canadian Coast
21 Guard captains have responded positively to AIS,
22 especially Canadian Coast Guard captains dealing
23 with ice breakers have said that AIS in

24 general -- either the DSC, VIST or the broadcast
25 system can provide them with the necessary tools

261

1 to simplify their operation, especially if they
2 are in close contact with ships that they are
3 escorting through ice.
4 Could AIS replace radar? That is still an
5 open question. The pilot project which I have
6 described and is describing now, was specifically
7 directed to see whether AIS can replace radar.
8 Well, our conclusion is, yes, we can see the
9 potential but we feel that every case where
10 somebody considers the replacement of radar with
11 AIS has to be very carefully studied. It is not
12 an across the board endorsement, AIS can replace
13 radar.
14 To be fully effective AIS must be fully
15 integrated with other positioning systems and
16 displays. In talking to one of our ice breaker
17 captains, he particularly told me, look, it's
18 great stuff, but I don't want to run from one
19 bridge wing to the other bridge wing in order to
20 integrate myself to various indicators and invent
21 various tools; everything has to be integrated.
22 AIS must provide true heading and not just course

23 over ground. Some of our VTS operators have said
24 that they want to see the orientation of the ship
25 in the channel, not just where it is being

262

1 headed.
2 Continuing with our preliminary conclusions,
3 the AIS, DSC capacity of 250 ships reports is
4 insufficient for our volumes and something needs
5 to be done and it has been recognized by our
6 previous speakers, something has to be done in
7 that area. For a river system AIS broadcast we
8 feel is better suited than the AIS, DSC, because
9 of its relative independence of the shore
10 structure. The autonomous mode of AIS broadcast
11 provides a potential anti collision capability
12 and we are investigating precisely what are the
13 parameters surrounding that issue in order to
14 make it so. And twist, interestingly enough, our
15 response by our river pilots; and unfortunately,
16 we don't have a great statistical basis for that,
17 but the one that we did acquaint with the system
18 has been somewhat lukewarm. It deals with the
19 question what they have to do with regard to
20 their work load and so on and so forth. In
21 particular, the size of the laptop is considered

22 too small by some of the river pilots.
23 And the last two conclusions is the
24 independence from shore facilities gives AIS
25 broadcast a number of operational flexabilities.

263

1 And AIS communication channel, as has been said
2 before, certainly by Tom Braithwaite in his
3 thing, is simply not designed to handle large
4 general data link capabilities and something else
5 should be discovered.

6 So, where is my time?

7 MR. STRONG: You're over.

8 MR. TEPPER: I'm over. Therefore I will
9 drop. I will just highlight this because Don
10 Sitsma mentioned that under collaborative
11 agreement it means the Canadian Coast Guard, the
12 BC Chamber of Shipping, evaluate the VHF ELOS
13 system together with British Columbia management
14 system, during this period, '97 and we are very
15 excited to find out what that system can do for
16 us.

17 Thank you very much.

18 (Applause.)

19 MR. PERRIS: Before I turn it over to
20 Mr. Strong, I'd like to thank all five presenters

21 for excellent briefings, unfortunately we've run
22 out of time for any questions. Just one comment
23 and threads I think tying this together, AIS is
24 here, it's, it is off the shelf as you saw. I
25 believe ship-to-ship direct, ship-to-shore,

264

1 shore-to-ship is a reality. It's not something
2 that has to be invented. I do believe the
3 discussion of protocols and frequency
4 allocations, remains both here in the United
5 States and internationally. I think it's
6 something we can work on. And as Mr. Lemley and
7 Admiral North said, the Coast Guard has to go out
8 and do it.

9 So thank you very much.

10 MR. STRONG: Bob, thank you very much. And
11 to all of your panelists and speakers, we
12 appreciate it.

13 (Whereupon, the proceedings recessed at
14 11:00 A.M.)